

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MINE SAFETY AND HEALTH ADMINISTRATION  
PUBLIC HEARING ON THE PROPOSED RULE  
TO ADDRESS RECOMMENDATIONS OF THE TECHNICAL  
STUDY PLAN ON FLAME-RESISTANT CONVEYOR  
BELTS, FIRE PREVENTION AND DETECTION AND THE  
USE OF AIR FROM THE BELT ENTRY

AUGUST 28, 2008

9:00 A.M.

SHERATON HOTEL

2101 RICHARD ARRINGTON JR. BLVD.

BIRMINGHAM, ALABAMA

REPORTED BY: Dana Gordon  
Certified Court Reporter  
and Notary Public

1                   A P P E A R A N C E S

2

3       MODERATOR:

4                   Patricia Silvey

5

6       PANEL MEMBERS:

7                   Michael Hockenberry

8                   Ron Schell

9                   William Francart

10                  Michael Kalich

11                  Matthew Ward

12                  Debra Janes

13

14

15

16

17

18

19

20

21

22

23

24

25

## 1 P R O C E E D I N G S

2 MS. SILVEY: Good morning. My  
3 name is Patricia W. Silvey. I am the  
4 director of the Mine Safety and Health  
5 Administration, Office of Standards,  
6 Regulations and Variances. I will be the  
7 moderator.

8 This public hearing is on MSHA's  
9 proposed rule to address the recommendations  
10 of the Technical Study Panel or the TSP on  
11 flame-resistant conveyor belts, fire  
12 prevention and detection and the use of air  
13 from the belt entry.

14 On behalf of acting assistant  
15 secretary Richard E. Stickler, I would like  
16 to welcome all of you here today.

17 Before -- at this moment, I  
18 would like to ask that in recognition that  
19 we just passed the one-year anniversary of  
20 the tragic accident at Crandall Canyon and  
21 in memory of the miners, the six miners who  
22 lost their lives in that accident and three  
23 heroic miners who lost their life -- lives  
24 in -- in the rescue attempt, including one  
25 of MSHA's own, I would like to ask if you

1 would pause with me in a moment of silence.  
2 And as we reflect, I would also ask you to  
3 remember all the miners who have lost their  
4 lives in mine accidents in this country and  
5 throughout the world this year. And  
6 particularly we go back to September of 2001  
7 and the tragic accident at Jim Walters  
8 Number 5. So, if you would pause with me  
9 for a moment.

10 (A moment of silence was  
11 observed.)

12 MS. SILVEY: Thank you very much.

13 As we remembered and reflected  
14 for that moment, that remains our  
15 omnipresent for lack of a better -- goal and  
16 that is to see that every day as we approach  
17 mine safety and health that we try to  
18 approach it with a program where every miner  
19 will go home every day safely to his or her  
20 spouses, children and entire family. And  
21 that's our goal here today.

22 And let me introduce the members  
23 of MSHA's panel who were principally  
24 responsible for drafting the proposal that  
25 is the subject of this public hearing.

1           To my right is Ronald Schell, and  
2           Ron is a retired MSHA -- for many years an  
3           MSHA employee who agreed to come back to  
4           help us get this rulemaking through. And he  
5           is the team leader for our project.

6           To his right, Michael  
7           Hockenberry. Michael is with the Office of  
8           Technical Support, MSHA's Approval and  
9           Certification Center.

10           To my left, William Francart, and  
11           Bill is with the Office of Technical  
12           Support, also.

13           To his left, Michael Kalich.  
14           Michael is with the coal mine safety and  
15           health -- our Office of Coal Mine Safety and  
16           Health.

17           And to his left, Matthew Ward who  
18           is with the Office of the Solicitor, the  
19           division that supports MSHA, the Division of  
20           Mine Safety and Health.

21           And least I not forget, in the  
22           back of the room, Debra Janes, and Debra  
23           Janes is a regulatory specialist who is in  
24           my office.

25           This is the final public hearing

1 on this proposal. As many of you know, we  
2 held hearings in Salt Lake City -- the first  
3 hearing in Salt Lake City; then in  
4 Lexington, Kentucky; in Charleston, West  
5 Virginia on Tuesday -- last Tuesday and then  
6 this being the final hearing.

7 The comment period for the  
8 proposal ends on September 8th. We must  
9 receive your comments by midnight, Eastern  
10 Daylight Savings Time, on that day.

11 You can view all comments on the  
12 Agency's website at [www.msha.gov](http://www.msha.gov). In the  
13 back of the room we have a few copies of the  
14 proposal.

15 At this point, I would also like  
16 to note that we have extended the time -- we  
17 published a companion request for  
18 information on smoke density and toxicity.  
19 In that request for information we have  
20 extended the time to provide comments on  
21 that until September the 8th.

22 Section 11 of the Mine  
23 Improvement and New Emergency Response or  
24 the MINER's Act of 2006 required that the  
25 Technical Study Panel be established. The

1 TSP issued its report in December of 2007  
2 and this proposal is consistent with the  
3 TSP's recommendations.

4 Let me summarize some of the more  
5 significant provisions and issues in the  
6 proposal.

7 First, the proposal would  
8 establish a new Part 14 and require that  
9 conveyor belts in underground coal mines  
10 meet the Agency's Belt Evaluation Laboratory  
11 Test.

12 In addition, it would revise  
13 MSHA's quality assurance, audit and  
14 recordkeeping requirements. MSHA requests  
15 comments on the proposed five-year retention  
16 period for approval holders to retain  
17 conveyor belt sales records.

18 The proposal would allow  
19 applicants for approval, approval holders,  
20 and those seeking extensions, a one-year  
21 period to gain approval of the new conveyor  
22 belt or to transition to approval of the new  
23 belt.

24 During this period, approval  
25 holders could apply for an existing Part 18

1 acceptance or a new Part 14 approval. After  
2 one year, all approvals would be processed  
3 under Part 14. The Agency solicits comments  
4 on the impact of the one-year transition  
5 period on manufacturers' inventories.

6 Under the proposal, for a period  
7 of one year mine operators could purchase  
8 conveyor belts accepted under existing Part  
9 18 or approved under new Part 14. After one  
10 year the operator would be required to  
11 purchase belts meeting the requirements of  
12 proposed Part 14. Under the proposal  
13 operators would be permitted to use existing  
14 inventory until replacement is necessary.

15 The proposal would require that  
16 miners assigned tasks as atmospheric  
17 monitoring system or AMS operators be  
18 qualified before they perform these duties  
19 and that AMS operators demonstrate  
20 proficiency to MSHA inspectors.

21 The proposal would require  
22 existing AMS operators to become qualified.  
23 To assist operators with training programs,  
24 MSHA intends to develop a model training  
25 plan and make that plan available to the

1 mining community.

2           The proposal would require that  
3 an AMS operator's duty be a primary  
4 responsibility. It would specify the  
5 contents of annual retraining and require  
6 AMS operators to travel underground every  
7 six months. The proposal would provide a  
8 two-month delayed effective date for  
9 operators to submit AMS training plans.

10           The proposal would apply to all  
11 underground coal mines and require an  
12 airlock where the air pressure differential  
13 between air courses creates a static force  
14 exceeding 125 pounds on closed personnel  
15 doors along escapeways. MSHA solicits  
16 comments on other suitable pressures and on  
17 the number and cost of airlocks that would  
18 be required under this proposal. Under the  
19 proposal operators would have a three-month  
20 period to establish airlocks.

21           The proposal would require that  
22 the use of air from a belt entry to  
23 ventilate the working section be permitted  
24 only when evaluated and approved by the  
25 district manager in the ventilation plan.

1 In the ventilation plan the operator would  
2 have to provide information that the use of  
3 air from the belt entry affords at least the  
4 same measure of protection where belt  
5 haulage entries are not used to ventilate  
6 working sections. MSHA proposes to allow  
7 mine operators currently using air from the  
8 belt entry to ventilate working sections  
9 three months to submit a revision to the  
10 ventilation plan to the district manager.

11 If the district manager does not  
12 approve the use of air from the belt entry  
13 to ventilate working sections, a citation  
14 would be issued for failure to have an  
15 approved plan. MSHA would not revoke the  
16 plan until completion of current mining.  
17 The Agency solicits comments on this  
18 proposed process.

19 The proposal would establish a  
20 minimum air velocity of 50 feet per minute  
21 in mines that do not use air from the belt  
22 entry to ventilate the working section.

23 The proposal would establish a  
24 minimum of a thousand feet per minute and --  
25 a minimum of a hundred feet per minute,

1       excuse me, and a maximum of a thousand feet  
2       per minute air velocity in mines that use  
3       air from the belt entry to ventilate working  
4       sections.

5                These proposed velocities assure  
6       that contaminants of a fire are carried  
7       downwind to carbon monoxide sensors. Under  
8       the proposal where these velocities cannot  
9       be maintained, adjustments may be approved  
10      in the mine ventilation plan. This proposal  
11      includes a 12-month delayed effective date.

12              The proposal would require that  
13      where miners on the working section are on a  
14      reduced respirable coal mine dust standard  
15      below 1.0 milligrams per cubic meter of air,  
16      the average concentration of respirable dust  
17      in the belt entry must be at or below the  
18      lowest applicable respirable dust standard  
19      on that section. The Agency solicits  
20      comments on this proposal.

21              The proposal would require that  
22      smoke sensors be installed in areas where  
23      air from the belt entry is used to ventilate  
24      working sections. It would become effective  
25      one year after the secretary has determined

1 that smoke sensors are available to detect  
2 fires in underground coal mines. These  
3 sensors would be in addition to carbon  
4 monoxide sensors. MSHA will provide notice  
5 when the sensors are available. MSHA  
6 solicits comments on this approach to  
7 requiring smoke sensors.

8           The proposal would establish new  
9 requirements for lifelines in underground  
10 bituminous and anthracite coal mines. They  
11 would -- it would require that lifelines and  
12 escapeways have tactile signals to identify  
13 impediments to travel, SCSR caches,  
14 personnel doors to adjacent escapeways and  
15 refuge alternatives.

16           And at the end of this opening  
17 statement, I will comment further about the  
18 lifeline requirement.

19           The proposal, which has a  
20 six-month delayed effective date, would also  
21 require that all tactile signals be  
22 standardized in all underground coal mines.  
23 Under the proposal each of the signals would  
24 have to be distinguishable from other  
25 markings. The Agency specifically solicits

1 comments on alternative tactile signal  
2 markings.

3           The proposal would require that  
4 the primary escapeway have a higher  
5 ventilation pressure than the belt entry.  
6 Under the proposal the operator can submit  
7 an alternative in the mine ventilation plan  
8 to protect the integrity of the primary  
9 escapeway. This proposal would apply to all  
10 mines using belt haulage and would have a  
11 six-month delayed effective date.

12           The proposal would discontinue  
13 the use of point-type heat sensors and  
14 require the use of carbon monoxide sensors  
15 for fire detection along belt conveyors and  
16 all underground coal mines. It requires  
17 that all point-type heat sensors, except  
18 those used to activate fire suppression  
19 systems, be replaced with carbon monoxide  
20 sensors within 12 months of the effective  
21 date of the final rule.

22           MSHA is proposing that the  
23 warning level for carbon monoxide sensors be  
24 10 parts per million above the ambient  
25 level. The Agency is soliciting comments on

1 this proposed level.

2 Proposed 1731 would be a new  
3 requirement for belt entry and belt conveyor  
4 maintenance applicable to all underground  
5 coal mines using belt haulage. The proposal  
6 would require damaged rollers and other  
7 malfunctioning belt components to be  
8 immediately repaired or replaced, require  
9 conveyor belts to be properly aligned,  
10 prohibit the accumulation of non-combustible  
11 material in the belt entry and require that  
12 splicing of any approved conveyor belt  
13 maintain the flame-resistant properties of  
14 the belt.

15 We have taken comment -- some  
16 comments on this last issue and would like  
17 to specifically request that you provide  
18 your suggestions for the types of splices  
19 that would maintain the flame-resistant  
20 properties of the approved belt.  
21 Specifically we have heard from some  
22 manufacturers that they will market splice  
23 kits which can be used to demonstrate that  
24 the splice will maintain the flame-resistant  
25 properties of the approved belt as they

1 market their belt.

2 At this point in the rulemaking,  
3 MSHA is considering implementing a program  
4 to evaluate splice kits. The Agency  
5 solicits comments on this approach to the  
6 splice requirement for approved conveyor  
7 belts. This proposal would include a  
8 two-month delayed effective date.

9 MSHA has estimated the economic  
10 impact of the proposal and has included a  
11 discussion of the costs, benefits and  
12 paperwork requirements in the preamble to  
13 the proposal and in the Preliminary  
14 Regulatory Economic Analysis, which I might  
15 refer to as the PREA. The PREA contains  
16 estimated supporting data on costs and  
17 benefits.

18 The Agency is also soliciting  
19 comments on the following:

20 MSHA is considering including a  
21 specific requirement in the final rule that  
22 the operator make changes or adjustments to  
23 reduce the concentration of Methane present  
24 in the belt entry as measured 200 feet outby  
25 the section loading point. At this point in

1 the rulemaking MSHA is considering requiring  
2 that operators take action when Methane is  
3 between 0.5 and 1.0 percent. MSHA is  
4 soliciting comments on the appropriateness  
5 of such a standard and on the specific level  
6 at which changes or adjustments should be  
7 made.

8 MSHA has proposed a requirement  
9 that point-feed regulators must be equipped  
10 with a means to be remotely closed.  
11 However, the Agency has not included a  
12 requirement for providing a means for  
13 reopening the regulator as recommended by  
14 the TSP. This is because MSHA believes that  
15 once evacuation is completed, the need for  
16 remote opening of the regulator will be  
17 rare. The Agency solicits comments on  
18 whether a requirement to remotely reopen the  
19 regulator should be included in the final  
20 rule. And if you have such a suggestion,  
21 please include the rationale for your  
22 suggestion.

23 MSHA requests comments on all  
24 proposed delayed effective dates.

25 MSHA also requests comments on

1 the estimates of costs and benefits in the  
2 preamble and in the PREA and on the data and  
3 assumptions the Agency used to develop its  
4 estimates.

5           As you address these  
6 provisions -- and most all of you who  
7 heard -- have heard me in these public  
8 hearings before have heard this. As you  
9 address us either in your testimony today or  
10 in your written comments, please be as  
11 specific as possible and include the -- your  
12 suggested alternatives, your suggested  
13 rationale, safety and health benefits to  
14 miners, technological and economic  
15 feasibility considerations and data to  
16 support your comments. The Agency will use  
17 this specific information to help evaluate  
18 the requirements in the proposal and produce  
19 a final rule that will improve safety and  
20 health for underground coal miners in a  
21 manner that is responsive to the needs and  
22 concerns of the mining public.

23           As many of you know, this hearing  
24 will be conducted in an informal manner and  
25 by that I mean that formal rules of evidence

1 will not apply. The panel may ask questions  
2 of the witnesses. The witnesses may ask  
3 questions of the panel. MSHA will make a  
4 transcript of the hearing available on the  
5 Agency's website within one week of the  
6 hearing. And as most of you know, time is  
7 of the essence in developing the final rule  
8 which must be finalized by December 31,  
9 2008.

10           If you wish to present written  
11 statements or information today, please  
12 clearly identify your material and give a  
13 copy to the court reporter.

14           We ask that everyone in  
15 attendance, if you would sign the attendance  
16 sheet. And when you begin, if you would  
17 please begin by clearly stating your name  
18 and organization and spelling your name for  
19 the court reporter. This will help ensure  
20 that we have an accurate record.

21           Before we start today's  
22 hearing -- and I said earlier that I would  
23 talk a little more about the lifeline  
24 requirement. Because at our first hearing  
25 we heard comment on the requirement for the

1 indicators -- directional indicators in the  
2 lifeline -- in the escapeways. Excuse me.

3 Now, as -- as most of you know,  
4 that was at -- at first a requirement in the  
5 emergency mine evacuation rule that was  
6 published in December of '06. And we  
7 required that in that rule that there be  
8 fire resistant lifelines and that the  
9 lifelines have directional indicators.

10 At that time we said directional  
11 indicators and we didn't say what they had  
12 to be, but we said if cones were used, the  
13 cones had to be so that the tapered end  
14 pointed in and back. You can see this cone  
15 (indicating). And we did not require  
16 standardization in the emergency mine  
17 evacuation rule.

18 Subsequent to that time, we got  
19 the Technical Study Panel report and the  
20 Technical Study Panel recommends  
21 standardization, and we followed the  
22 recommendation and included that in this  
23 proposal that's the subject of today's  
24 hearing.

25 So, we went further and we said

1       that cones must be used as the directional  
2       indicators and we said that the standard --  
3       that they had to be standardized in all  
4       underground coal mines and that -- that two  
5       cones back to back -- and this was our  
6       concept of back to back, as you can see,  
7       (indicating). We said two cones would  
8       represent impediment in escapeways. Four  
9       cones would represent personnel doors and  
10      six cones back to back would represent the  
11      location of the SCSR caches.

12                 In addition, we said that this  
13      spiral cord (indicating) would represent the  
14      location of the refuge alternative or refuge  
15      chamber.

16                 Well, we have since gotten  
17      comments that -- that people think that the  
18      lifeline requirement in escapeways is very  
19      good for emergency escape. People think  
20      that the directional indicators are very  
21      good and -- and also, I wanted to add one  
22      other thing, that we also believe in  
23      addition to the training requirements in the  
24      emergency evacuation rule, the training  
25      requirements that we're going to have in the

1       refuge -- refuge alternative rule and the  
2       training requirements in this proposal that  
3       training will become an important element  
4       and significant element in emergency  
5       response -- in successful emergency response  
6       and escape.

7                 But we were still told that --  
8       that everybody agrees that training is  
9       important, too, but that they would like us  
10      to do whatever we can do as we go forward in  
11      the final rule to see if we can simplify as  
12      best as possible the requirement for the  
13      tactile indicators and the signals in  
14      escapeways.

15                So, what I want -- what I wanted  
16      to do was to state that to you all, let you  
17      all know that at this point in the  
18      rulemaking and invite any comments from  
19      everybody here on this issue and  
20      particularly from how miners would respond  
21      to that -- this provision.

22                And one final thing before we  
23      start the hearing. At -- at this point I  
24      would like to reiterate -- and I think I've  
25      done that in every hearing we've had

1 including the hearings -- the four hearings  
2 on refuge alternatives -- that while we're  
3 doing all of these requirements and  
4 including requirements for emergency  
5 response and escape, we continue to ascribe  
6 to the philosophy as an agency and I think  
7 the entire mining community, the important  
8 philosophy that in -- in the event of an  
9 emergency underground the first line of  
10 defense is for the miners to escape the  
11 emergency.

12           So, I want to underscore that  
13 long-standing and significant principle  
14 that -- that we continue to underscore and  
15 we as an agency continue to support.

16           At this point, we will start  
17 today's hearing, and our first speaker is  
18 Bruce Levinson. Mr. Levinson. And you are  
19 with the Center for Regulatory  
20 Effectiveness, I believe. You just had  
21 CRE.

22           MR. LEVINSON: That's correct.  
23 That's me. Bruce Levinson,  
24 L-e-v-i-n-s-o-n. The Center for Regulatory  
25 Effectiveness.

1                   And I came down here today to  
2                   Birmingham to thank MSHA for your multiple  
3                   efforts to further improve underground  
4                   safety. And in particular, Ms. Silvey, you  
5                   encapsulated essentially all of my comments  
6                   today with your last phrase where you said  
7                   everything is focused following a disaster  
8                   on helping miners escape. And that really  
9                   sums up all of my comments.

10                   MSHA has taken several steps with  
11                   regard to -- to further improving  
12                   underground safety for which I -- I would  
13                   like to thank you. One of those steps is  
14                   this set of hearings. While the rulemaking  
15                   is required by law, holding hearings around  
16                   the country and reaching out to mine safety  
17                   stakeholders around the country was not  
18                   required. That's an additional step. It  
19                   goes beyond the sort of inside the beltway  
20                   notice and comment process. And for that I  
21                   thank you.

22                   And then a further step was, as  
23                   you had mentioned earlier, opening the  
24                   companion proceeding to request information  
25                   on smoke safety, smoke density and

1 toxicity. And I think that is just crucial  
2 because it is MSHA's recognition that it's  
3 only by controlling fire and smoke in tandem  
4 that -- that we can protect the ability of  
5 miners to escape. And as I'll explain,  
6 MSHA's action in moving ahead of congress in  
7 terms of safety on that issue.

8           And an additional way in which  
9 MSHA is further demonstrating their  
10 commitment to safety is by reaffirming their  
11 commitment to smoke safety and that was by  
12 reopening the -- the smoke safety docket.  
13 And as the Federal Register said, MSHA --  
14 the Agency is reopening the rulemaking  
15 record for the RFI to be consistent with the  
16 proposed rule on flame-resistant conveyor  
17 belts, fire prevention and detection and use  
18 of air from the belt entry.

19           MSHA's recognition and  
20 reaffirmation of the importance of  
21 ensuring -- ensuring that smoke safety is  
22 consistent with this flame-resistance  
23 proceeding is particularly welcomed because  
24 it's only by controlling both smoke and  
25 fire -- and I will go into some technical

1 detail and scientific studies on that --  
2 that miners can be protected and chiefly  
3 that they are able to escape.

4 I know that the Agency has a  
5 number of important safety rulemaking issues  
6 under way and that everyone here is more  
7 than busy and I do appreciate your time.

8 Now, the good news with regard  
9 to smoke safety is that there are already --  
10 for smoke density there are standards and  
11 regulations in place and that have been in  
12 place in the Code of Regulations for many  
13 years and they can be very rapidly adopted  
14 by MSHA for use in underground mines. No  
15 delays are required.

16 The Department of Transportation  
17 has set smoke density standards along with  
18 flame resistance for just about every  
19 component in the passenger cars and  
20 locomotives of trains. And the FAA has done  
21 similar standards for cabin materials used  
22 in commercial aircraft.

23 And all of those standards, all  
24 of those regulations use the same test.  
25 It's a very widely used laboratory scale

1 test by ASTM, which is called the American  
2 Society for Testing Materials, and the test  
3 is ASTM E-662, standard test methods for  
4 optical -- specific optical density of smoke  
5 generated by solid materials.

6 And for MSHA's convenience, I'll  
7 attach a copy of the standard to my comments  
8 that I'll give to the court reporter and  
9 this is the exact same version that's used  
10 by DOT.

11 And I'd also note that the  
12 National Fire Protection Association, NFPA,  
13 had a very similar standard called NFPA 258,  
14 but they withdrew that in favor of the ASTM  
15 standard. And in withdrawing it they said  
16 in -- in its current form NFPA 258 cannot be  
17 used as a mandatory reference. ASTM E-662  
18 is similar to NFPA 258 and is referenced in  
19 numerous regulator documents.

20 In light of current harmonization  
21 efforts with -- with regard to fire test  
22 standards, the committee finds no reason to  
23 revise it and goes with the same test --  
24 similar test method maintained by ASTM.

25 Now, one question is -- I've been

1 talking about trains and airplanes. What  
2 does that have to do with underground coal  
3 mines? They are very different environments  
4 and you have different types of materials.  
5 And the answer is because they're both  
6 enclosed burning environments that people  
7 need to escape from. And those visibility  
8 requirements are the same.

9 In fact, in any situation where  
10 you have burning or smoldering materials, a  
11 smoke-generating situation, smoke controls  
12 are essential because other precautions have  
13 already failed.

14 And one -- one point that becomes  
15 clear when you look at the different DOT  
16 regulations is that while there are  
17 different standards set for different  
18 materials, they're all in about the exact  
19 same range. And that's because irrespective  
20 of the material emitting the smoke, people  
21 need the same level of visual acuity. They  
22 need the same level of visibility in order  
23 to escape.

24 Now, of course, mines are  
25 different than planes and -- and Amtrak

1 because you have no -- no outside light and  
2 you have vastly longer distances to transfer  
3 to street safety. But those differences  
4 highlight the increased importance for smoke  
5 limitation in mines compared with public  
6 transport.

7           You requested that we provide  
8 specific detailed standards and what we  
9 recommend, CRE is that MSHA adopt the smoke  
10 density standards for elastomers that is  
11 already in the Code of Federal Regulations.  
12 All conveyor belts are made of elastomers.  
13 And the specific standard as measured by  
14 ASTM E-662 is a specific optical density of  
15 no greater than 100 after 90 seconds and in  
16 an optical density of less than or equal to  
17 200 after four minutes.

18           And as I said, this is similar --  
19 this is used by the railroad administration  
20 for a multitude of materials ranging from  
21 mattresses to windscreens.

22           And the FAA has also adopted a  
23 specific optical density of no greater than  
24 200 after four minutes for the materials  
25 used in passenger aircraft.

1           Now, one question that -- that  
2 immediately comes to mind is why do we need  
3 a smoke standard if we're controlling fire  
4 resistance? And the DOT standard is a very  
5 stringent one. The DOT, which has been  
6 setting -- researching and setting smoke  
7 limitations for 30 years, came across this  
8 variation in their proceedings on smoke  
9 safety and on fire retention. After all, no  
10 fire, no smoke. Or at least if you limit  
11 fire, you've limited smoke. At least  
12 that's -- that can be a popular conception.

13           And they dealt with this directly  
14 and what I'll do is -- this has actually  
15 been before the Federal Railroad  
16 Administration and the Urban Mass Transit  
17 Administration dealt with this some back 25  
18 years ago and in their proceedings they were  
19 asked that exact question.

20           And this is from the 1984 Federal  
21 Register notes. "An additional comment was  
22 that restrictions on flammability are such  
23 that restrictions on smoke emissions are  
24 unnecessary. UMTA disagrees. There is not  
25 necessarily a relationship between

1 flammability and smoke emission, so that the  
2 flammability test alone does not accurately  
3 test for those two characteristics."

4           For example, some situations may  
5 result in very little flame spread but a  
6 great deal of smoke. The low flammability  
7 will not indicate the smoke emission  
8 characteristics of the material.

9           Now, all the agencies that I've  
10 mentioned, UMTA and the railroads and  
11 airplanes, that's all part of DOT. And it  
12 will be reasonable to think, well, perhaps  
13 the issue of smoke alone with flame is  
14 something peculiar to DOT, which is why  
15 you've mentioned the importance of  
16 scientific data.

17           This country's most prestigious  
18 and well credentialed independent scientific  
19 research agency, the National Academy of  
20 Sciences also looked at this very issue.  
21 And they did so not with respect to trains  
22 or airplanes, they were looking at what the  
23 U.S. Navy was doing with regard to  
24 submarines. Because that is also an  
25 isolated, enclosed environment where fire

1 safety is of the absolute utmost importance  
2 just as it is in coal mines.

3           And what the National Academy of  
4 Sciences did was they also found the need  
5 for ASTM E-662. And more than that, they  
6 said that you don't -- no single -- no  
7 single test covers all the different aspects  
8 of flame resistance. This is from their  
9 1995 report and this is by the National  
10 Academy of Sciences. "No single metric and  
11 hence, no one test method, is adequate to  
12 completely evaluate the fire hazard of a  
13 particular material system."

14           For example, the testing  
15 procedures for evaluating composite material  
16 systems for naval submarine interiors, DOT  
17 1991, include oxygen temperature index;  
18 flame spread, ASTM E-162; ignitability, ASTM  
19 E-1354; heat release, ASTM E-1354; smoke  
20 obscuration, ASTM E-662; combustion gas  
21 generation, ASTM E-1354; and toxicity, N-gas  
22 method.

23           So, what we have is the National  
24 Academy of Sciences looked at this now from  
25 a completely different aspect and found you

1 need multiple tests, but they're all lab  
2 scale. These are all standard testing  
3 methodologies that have been long  
4 established including for smoke density.

5           And Congress has also recognized  
6 the importance of having a smoke safety  
7 standard. Earlier this year the House of  
8 Representatives passed a bill called the  
9 S-MINER Act. And that has not yet been  
10 considered by the Senate and it is not yet  
11 law, which is what I was referring to  
12 initially when I said that MSHA is actually  
13 getting ahead of Congress in promoting  
14 safety in its safety leadership.

15           And what the S-MINER Act states  
16 is this: Not later than -- not later than  
17 90 days after the enactment, the secretary  
18 shall publish interim final rules to revise  
19 the requirements for flame-resistant  
20 conveyor belts to ensure that they met the  
21 most recent recommendations from NIOSH and  
22 to ensure that such belts are designed to  
23 limit smoke and toxic emissions.

24           Now, an additional question that  
25 is -- that is obviously important is we're

1 here because of recommendations from the  
2 Technical Study Panel that was -- that was  
3 established by Congress. And in that final  
4 report the Technical Study Panel did not  
5 mention smoke. And the question is why?  
6 And the answer to that comes from Congress  
7 which established the panel. And in the  
8 report language, which accompanies the  
9 S-MINER Act, which is legislative history,  
10 says, the mandate and recommendations of the  
11 technical review panel were confined to  
12 flame resistance.

13 The reported bill requires the  
14 use of material which can simultaneously  
15 reduce all three risks: Flammability, smoke  
16 density and smoke toxicity. And this report  
17 had been consistent with the recommendations  
18 of the technical review panel but expands  
19 upon them to provide additional protections.

20 Now, we've seen that multiple  
21 agencies are doing this, that the National  
22 Academy of Sciences has said it's necessary  
23 and the idea of no fire, no smoke really --  
24 really doesn't -- doesn't apply.

25 But there's still two additional

1 questions. One, is this practical for  
2 conveyor belts in underground coal mines?  
3 If it's not practical, then, you know, all  
4 the rest is -- becomes academic.

5           And another question is why is it  
6 just now that we're talking about smoke?  
7 Certainly concerns about smoke in  
8 underground mines have been around for a  
9 long time.

10           Well, with regard to the first  
11 issue, it is practical and I'll discuss that  
12 in a second, but also, this is not a new  
13 issue of controlling smoke in underground  
14 mines.

15           A dozen years ago in 1996,  
16 Monsanto, which is a chemical supply house,  
17 wrote to MSHA -- and this is part of the  
18 previous rulemaking docket -- and they  
19 requested that MSHA set smoke safety  
20 standards along with flame resistance.

21           And let me -- and they also  
22 raised an issue we've heard again more  
23 recently if you increase flame retardants  
24 without controlling smoke, you can get more  
25 smoke.

1                   And these are excerpts from  
2                   Monsanto's 1996 letter to MSHA. It is not  
3                   uncommon for flame retardants to actually  
4                   increase the amount of smoke produced per  
5                   unit of material burned. The net effect of  
6                   this is often NOT, all caps, the desired  
7                   reduction in smoke. Sometimes the total  
8                   smoke generated goes up. Nice summation  
9                   point.

10                   Even if less material is consumed  
11                   as a -- as a result of flame retardant,  
12                   total smoke generated could be greater  
13                   because of the higher production of smoke  
14                   per unit of mass consumed. Even more  
15                   significant, this data was generated using  
16                   formulation very similar to those employed  
17                   in vinyl mine belt carcasses.

18                   For these reasons we feel your  
19                   proposed standard can make even greater  
20                   improvement in mine safety if it  
21                   incorporated a strict smoke and toxic gas  
22                   specification, and we strongly urge you to  
23                   consider adding such a requirement.

24                   And Monsanto went on to add, we  
25                   feel that it is especially noteworthy that

1 the prototype smoke suppressed formulation  
2 shown here is not more costly per yard of  
3 belt than the version made with conventional  
4 materials.

5           So, even a dozen years ago the  
6 Agency was called on to set smoke and  
7 toxicity standards and that doing so was  
8 practical. And I believe in the smoke --  
9 the smoke safety docket, Phoenix I believe  
10 submitted knowledge saying they were already  
11 selling the halogen free belts, which is  
12 smoke controlled belts, in Europe and  
13 they're currently doing that. So, we know  
14 that this is practical. It is already in  
15 the market.

16           And you asked for comments with  
17 regard to cost benefit analysis. When you  
18 have an issue that is essentially cost  
19 neutral, the increased benefit will last --  
20 is always beneficial.

21           Now, in terms of the specific --  
22 what we recommend for the specific mechanism  
23 for implementing this, we recommend that  
24 MSHA simultaneously issue an interim final  
25 smoke density rule based on ASTM E-662 with

1 an optical density limit of no more than 100  
2 after 90 seconds and no more than 200 after  
3 four minutes.

4 And simultaneously with that an  
5 interim final flame resistance rule based on  
6 the BELT proposal and an advance notice of  
7 proposed rulemaking on smoke toxicity to set  
8 standards for the primary toxic agents  
9 including carbon monoxide and hydrogen  
10 chloride using existing consensus standard  
11 testing methodologies.

12 In terms of time, it would  
13 require no change. In the time frame set  
14 out in the proposed rule, all conveyor belts  
15 purchased would need to meet the new flame  
16 resistance and smoke density requirements  
17 within a year of publication of the interim  
18 final rules.

19 And simultaneously with the  
20 interim final rules we would suggest that  
21 MSHA open a 60-day notice and comment period  
22 for the purpose of finalizing them and a  
23 60-day comment period on smoke toxicity  
24 ANPRM to allow for expeditious rulemaking.

25 Again, I would like to thank

1 everyone here and the Agency for -- for  
2 holding this hearing and I will be glad to  
3 take any questions.

4 MS. SILVEY: Thank you,  
5 Mr. Levinson, for your comments. While --  
6 and I -- I want to note this for everybody.  
7 While this RFI in and of itself is not the  
8 subject of this hearing -- and I'm sure  
9 you -- you understand that and are aware of  
10 that.

11 I am going to ask you one  
12 question in the furtherance of  
13 information -- in getting the information  
14 that the Agency might need as it goes  
15 forward. And you can answer it right now or  
16 you can submit additional information before  
17 the record closes on September the 8th.

18 And that is just -- I just had  
19 one -- and as you made your comments -- and  
20 I -- and I did get your comments, trust me.  
21 And I looked at them, but I don't quite  
22 remember exactly what they said.

23 In using -- you said something  
24 about when issuing an ANPRM on toxicity  
25 using the consensus standards methodology.

1 Do -- could you be a little more specific  
2 there?

3 MR. LEVINSON: Oh, sure,  
4 absolutely.

5 MS. SILVEY: Okay. And you don't  
6 have to be specific right now. You can be  
7 specific in -- in your comments.

8 MR. LEVINSON: I will be glad to  
9 be specific right now.

10 MS. SILVEY: Okay.

11 MR. LEVINSON: What I mean is  
12 using basic laboratory tests that are well  
13 accepted. There is one that is set by  
14 Boeing. They use this for their own -- for  
15 their suppliers called Boeing support  
16 specification standard, BSS, and I believe  
17 it's 7369, which is the method for measuring  
18 the toxic gases that come off. You  
19 basically take a small sample of material,  
20 you put in the test chamber, you heat it.  
21 There's an element that --

22 MS. SILVEY: Okay.

23 MR. LEVINSON: And then the --  
24 the smoke of hydrogen chloride, carbon  
25 monoxide, hydrogen cyanide and other

1 components are registered in parts per  
2 million.

3 MS. SILVEY: And if you -- if you  
4 had -- if that is included in your comments,  
5 then that's fine. Is that -- is that  
6 already included?

7 MR. LEVINSON: That will be --  
8 that Boeing support standard will be  
9 included in the --

10 MS. SILVEY: Okay.

11 MR. LEVINSON: In the formal  
12 docket.

13 MS. SILVEY: Okay. All right.  
14 That's -- that's all I have.

15 MR. LEVINSON: And 662 is in  
16 docket -- included in the -- in the comments  
17 that are included here.

18 MS. SILVEY: Right.

19 MR. LEVINSON: And they're even  
20 on the rulemaking itself because it's  
21 important, as Congress said, to determine  
22 that smoke -- that at all times using belt  
23 air provides at least the same measure of  
24 safety.

25 MS. SILVEY: I understand.

1           MR. LEVINSON: So, it is an  
2 essential and integral portion.

3           MS. SILVEY: Okay. Thank you  
4 very much.

5           MR. LEVINSON: Thank you.

6           MS. SILVEY: Our next speaker  
7 will be Al Craig, UMWA 2133.

8           MR. CRAIG: My name is Al Craig,  
9 local 2133, UMWA. That's C-r-a-i-g.

10           Listening to the sum of  
11 Ms. Silvey's opening statements, I was  
12 concerned with the part on page 35034 on  
13 that proposal. And this was the middle  
14 column where you were stating that the  
15 proposal includes new procedures to approve  
16 the use of air from a belt entry to  
17 ventilate working sections. And I had some  
18 concerns with the word "sections" simply  
19 because we have been cited for using belt  
20 air twice.

21           And so by putting this S on the  
22 word "sections," it was -- it seems as if  
23 this same air was being used twice, plural.  
24 And we felt that if that statement had been  
25 to ventilate a working section -- at the

1 mines that I work at they have been cited in  
2 the past for using air off the main belt and  
3 then using that same air going down the  
4 primary escapeway to ventilate other working  
5 sections.

6           So, by having this S on the word  
7 "sections," you know, it -- we were thinking  
8 maybe -- maybe that statement should read to  
9 ventilate a working section so this would  
10 not sound as if it -- we were ventilating  
11 more than one section on this split of air.

12           Because we were feeling as if it  
13 conflicted with the CFR Part 30 under 75.332  
14 which states that when two or more sections  
15 are mining or they are using mechanized  
16 mining equipment that they must use a  
17 separate split of air. And we felt as if to  
18 have the statement changed to ventilate a  
19 working section that this would be more  
20 direct at being single and using that air  
21 once.

22           We felt as if the two rules and  
23 the rule that's already applied, that this  
24 would more or less have a conflict of  
25 interest.

1                   If you have any questions --

2                   MS. SILVEY: Yeah. I would just  
3 like to say, I -- and I believe that I speak  
4 for my -- the panel. You know what people  
5 say when you speak for the panel, but I  
6 think we were just using the plural form of  
7 the -- just the plural -- the sentence in  
8 the plural, but we didn't -- we were not  
9 changing the meaning of anything. The  
10 meaning was intended that it be just as you  
11 stated, ventilate a working section. Each  
12 one of them have to be -- all we were  
13 doing was putting that -- we were just  
14 putting it in the plural -- making a  
15 sentence in the plural form. That's all.  
16 It wasn't meaning to change the meaning of  
17 the standard.

18                   MR. CRAIG: Yes, ma'am.

19                   MS. SILVEY: Okay. I understand  
20 what you're saying --

21                   MR. CRAIG: All right.

22                   MS. SILVEY: -- how somebody  
23 could -- maybe could take it that way.

24                   Does anybody want to add  
25 anything? That's basically it. We weren't

1 changing the meaning.

2 MR. CRAIG: Okay. Thank you.

3 MS. SILVEY: Thank you for --  
4 thank you for your comment because anytime  
5 somebody can take something -- you know, the  
6 wrong meaning from something, then if you  
7 can clarify it, it's better to do that. So,  
8 I appreciate what you just said.

9 MR. CRAIG: Well --

10 MS. SILVEY: We'll make it as  
11 clear -- we'll try to make it as clear as  
12 possible where -- so that it says ventilate  
13 a working section.

14 MR. CRAIG: Yes, ma'am. Well, I  
15 know sometimes the operators take words and  
16 they -- I wouldn't say manipulate them, but  
17 they use them to their advantage when  
18 they're breaking the law and then it turns  
19 around that this same statement, they will  
20 use it in -- in other words, this same air  
21 that they use on this belt line. And we've  
22 had that problem. Like I say, we've been  
23 cited once, maybe twice --

24 MS. SILVEY: I understand.

25 MR. CRAIG: -- for using air off

1 of one of our main belts. And they -- at  
2 that particular spot at the point-feed they  
3 didn't have any smoke detectors and there  
4 was other things and issues that went with  
5 this citation.

6 MS. SILVEY: I understand.  
7 Okay. I don't have any more questions.

8 MR. CRAIG: Okay. I would like  
9 to thank the panel for giving me the  
10 opportunity to speak.

11 MS. SILVEY: Thank you very much  
12 for your comment, Mr. Craig.

13 We next have Randall Green.  
14 Mr. Green, UMWA, local 1948.

15 MR. GREEN: My name is Randall  
16 Green, R-a-n-d-a-l-l G-r-e-e-n, United Mine  
17 Workers of America.

18 I want to make some comments on  
19 the point-feeds that I see that have been  
20 addressed in the -- some of the proposal,  
21 particularly on the remote closing doors.  
22 And some areas that we have concerns -- we  
23 have -- you know, our belt lines are  
24 secondary -- secondary escapeways and when  
25 we put these point-feeds in again, which we

1 have remote closing points --

2 THE COURT REPORTER: Can you  
3 speak up a little bit for me?

4 MR. GREEN: Okay. In the mines I  
5 work in we have the point-feeds along the  
6 belt lines. We've also put in fresh air --  
7 air shafts in and joined it in the primary  
8 escapeways. And one of the problems that we  
9 have that -- in our point-feeds is that they  
10 came back and called these point-feeds  
11 injection points.

12 And we did have an inspector that  
13 cited one of these point-feeds with the door  
14 not being able to close. And when they came  
15 back, they said that this was an injection  
16 point for the air shaft.

17 In our mines we have a large  
18 quantity in primary escapeways of diesel  
19 equipment. And -- and of course, our  
20 concern as miners, you know, is our belt  
21 lines are secondary escapeways and you're  
22 talking about smoke and -- and problems that  
23 we -- these doors here, you know, as to  
24 where we can close them to have a separate  
25 escapeway if we need one.

1                   And the doors -- I noticed that  
2     you addressed them in here in the 352  
3     proposal and some of the things that you  
4     addressed, but I do think in the proposed  
5     regulations whether they're calling them  
6     injection points, whether they're adjacent  
7     to air shafts or whatever on account of  
8     smoke or fire -- and particularly with  
9     Aracoma that happened. And we know what  
10    happens when you have fire -- fire and we  
11    have pressures that can even change  
12    ventilation directions and stuff that we  
13    feel that we should have these remote  
14    closing doors on any opening on the belt  
15    line as to whether -- as to whatever we call  
16    them for the safety of the miners and -- and  
17    that we can have a safe escapeway.

18                   Because we do know in disasters  
19    different things happen. We don't know what  
20    happens.

21                   We do know that in the present  
22    regulations we would like to see this  
23    changed to any opening that we have on our  
24    belt line since at our mines and a lot of  
25    mines they're already used for escapeways.

1 And we know that they're put there for  
2 injection points as ventilation on the  
3 belt. But we -- we would like to see these  
4 remote doors on all openings going to the --  
5 on the belt line regardless of where -- you  
6 know, where they're at so that we will have  
7 an opportunity to have a separate escapeway  
8 and that the miners can close these doors  
9 when needed.

10 And I think this is a problem  
11 with the present regulations and -- because  
12 it -- our inspectors are real good about  
13 citing any openings they find in the  
14 stoppings in the belt line when it's between  
15 the primary escapeway and -- but, you know,  
16 in this situation I think I would appreciate  
17 the Agency as they look in changing this,  
18 that this is an important -- anytime we make  
19 an opening, regardless of what we want to  
20 call it, when we're injecting air from the  
21 primary to the secondary and we've got  
22 roadways with equipment traveling, we do  
23 need these remote closing doors where we can  
24 close them.

25 Do y'all have any questions?

1 That's -- that's all the comments I'm going  
2 to have.

3 MR. KALICH: So -- so, you're --  
4 you're saying that at any point -- at any  
5 point where air is introduced you would like  
6 to see a door --

7 MR. GREEN: Yes, sir.

8 MR. KALICH: -- at the bottom of  
9 an air shaft, for instance?

10 MR. GREEN: Yes, sir. What  
11 happened here is we've got belt lines that  
12 have been established for years and then we  
13 come back and put the same shafts for fresh  
14 air and they may be over four or five air  
15 courses in the common and the primary. And  
16 you've got heavy diesel equipment and stuff.

17 And of course, the situation we  
18 got in, these doors were already on there  
19 that were called point-feeds up to this  
20 point. The inspector issues a citation and  
21 then they'll come back and find out it's  
22 vacated because the section of the law -- I  
23 think maybe 380 in the present law addresses  
24 the -- a change in that part to a point  
25 injection system.

1           But -- and our question was  
2           that -- you know, with equipment and  
3           pressures and in particular what happened at  
4           Aracoma, that it's important that -- with  
5           mine fires that we could have doors to close  
6           any opening that's in -- and keep our belt  
7           way separate.

8           And this is something that --  
9           that we would, you know, like to address, if  
10          it could be addressed. Because you don't  
11          know what will happen in any situation  
12          and -- but if we've got those doors there on  
13          any opening, regardless of what anyone  
14          called it, that, you know, we can close it.

15          That's all I have. Thank you.

16          MS. SILVEY: Thank you,  
17          Mr. Green.

18          Our next speaker is Ken  
19          McReynolds, UMWA, 2133. Mr. McReynolds.

20          MR. McREYNOLDS: Good morning.

21          MS. SILVEY: Good morning.

22          MR. McREYNOLDS: Ken McReynolds,  
23          K-e-n M-c-R-e-y-n-o-l-d-s. United Mine  
24          Workers, local 2133.

25          Miners' representative, safety

1 representative, been in underground mining  
2 for 30 years, safety -- involved in safety  
3 for 30 years, public speaking one year.

4 MS. SILVEY: A little humor here  
5 to start off.

6 MR. McREYNOLDS: I rise in  
7 support of the emphasis of MSHA and the U.S.  
8 Department of Labor in making our mines  
9 safe.

10 The -- one of the things that  
11 concerns me most is -- is the examinations  
12 in the -- the AMS systems is the systems  
13 sometimes have failed. As we know, we had a  
14 problem -- we had a potential problem at Oak  
15 Grove mine. That's the mine that I work at,  
16 Cleveland Cliff.

17 One of the things I didn't hear  
18 when we talked about the -- the new  
19 regulations on the fire-resistant belts was  
20 what plays hand in hand with that would be  
21 deluge systems. I know they have  
22 examinations -- monthly examinations on the  
23 firefighting systems, but there has not been  
24 any -- anything to go along with the deluge  
25 system.

1                   And that may play a part in it  
2           because at one of the fires we had, the  
3           routing of the wires and hoses was directly  
4           over the source of the fire. And we had a  
5           situation where smoke from it burned the  
6           wires in two and the smoke traveled and was  
7           not picked up because the sensors were down  
8           and pretty much smoked out our longwall  
9           face. That's where you had several  
10          employees working out on the face.

11                   Well, what I do appreciate is the  
12          continued -- or would appreciate the  
13          continued study on these particulars that I  
14          have talked about, one being the -- the  
15          injection point or the point-feed; the  
16          continued study on the sensors themselves,  
17          the CO sensors, carbon monoxide sensors,  
18          continued study with -- at the end of the  
19          day, I hope you do whatever it takes to --  
20          and at any cost to save a life. Because if  
21          it saves one life, I think that's money well  
22          spent.

23                   I could read some of the  
24          proposals on the training for the AMS  
25          operator, but it's already written.

1       Hopefully it will be written in stone where  
2       right now they are trained annually and the  
3       proposal would make it a six months'  
4       training. Well, even if it was suppressed  
5       more than that, even if it was compressed  
6       down to a three months' training, if it  
7       saves a life, then I don't -- I don't have a  
8       problem with it.

9                The locations of the smoke  
10       sensors, the new location, the 3,000 foot  
11       locations of the -- the CO monitors, not a  
12       problem; that is, without belt air being --  
13       being used to ventilate the faces. If in  
14       the case of that, then I think that if  
15       you're going to use belt air to ventilate  
16       the face, then it should be just as safe as  
17       if you're not using belt air to ventilate  
18       the faces.

19               I've seen mine fires. I've been  
20       there.

21               But at this point, I'll take any  
22       questions.

23               MS. SILVEY: I don't -- I don't  
24       have any questions. I just have one comment  
25       to say to you.

1           On your -- on your comment on the  
2 deluge type systems, firefighting systems,  
3 those are in our fire prevention  
4 regulations, fire suppression regs and we  
5 are looking at those.

6           MR. McREYNOLDS: You are?

7           MS. SILVEY: I appreciate your --  
8 yes, we are. I appreciate your comments. I  
9 don't have any more. Okay. Thank you very  
10 much.

11          MR. McREYNOLDS: Thank you.

12          MS. SILVEY: Our next speaker  
13 will be Dwight Kahle, UMWA. Mr. Kahle.

14          MR. KAHLE: Good morning.

15          MS. SILVEY: Good morning.

16          MR. KAHLE: D-w-i-g-h-t

17 K-a-h-l-e.

18           I've been in the mines 34 years,  
19 safety committee for 30, Jim Walter  
20 Resources.

21          THE COURT REPORTER: I need for  
22 you to speak up for me.

23          MR. KAHLE: Like I said, we -- I  
24 testified there are -- or some of the  
25 comments earlier that most miners are

1 focused on training, maintenance and fire  
2 prevention and a lot of it has been  
3 addressed, but some of it we need to add a  
4 little more to. I would just like the -- to  
5 talk about more training, like I said, on  
6 the firefighting people.

7           Usually there's a section on the  
8 firefighting part of it which is hands-on  
9 for everyone, but most of the time it's just  
10 the first four or five that's in front.

11           Maintenance -- just -- just  
12 lately we had the fire in the past month on  
13 a belt line that was running. The smoke  
14 sensors we need. We need -- it wouldn't  
15 pick up the seal on it. The belt had a bad  
16 roller that heated up and -- and once the  
17 belt stopped, then the belt burnt in two,  
18 and the heat and all set the grease on fire  
19 that was in the bearings itself. And at  
20 that time then the alarms sounded off.

21           We need these sensors -- these  
22 warning sensors posted in other areas on the  
23 section. And we need the CO person, which  
24 is the one responsible person at our mines,  
25 to be able to knock the power when this

1 happens. We need other means of alarm if we  
2 have a fire.

3           Getting back to the fire on  
4 the -- on this belt line, like I said, this  
5 belt burned in two and the smoke was so  
6 thick you couldn't see. So, again, touching  
7 back on smoke sensors, we need them. We  
8 need them bad on the belt lines.

9           Another thing that was touched on  
10 in the proposal was this one year on -- on  
11 the belt that they could purchase the belt  
12 and use what they have. This -- at this  
13 time they can purchase five years of belt  
14 material and go into this law and still use  
15 it for the next five years.

16           They should have a date on this  
17 that -- on the belts as an approved -- that  
18 they can use that non-approved belt for the  
19 next five years if they purchase before.

20           Getting back to the point-feed,  
21 too, that was touched on by the miner from  
22 Shoal Creek. Also, we have point-feeds. We  
23 need a means so that it will automatically  
24 close by the responsible person that works  
25 in the CO department.

1                   This is -- this is not hard to  
2 do. The operator should be able to -- or  
3 the responsible person should be able to  
4 close or open the point-feed doors from a  
5 control room. Not manually, which is what  
6 we've got now. It's automatic, but  
7 there's -- you have to operate cables to do  
8 it. Someone has got to be there to do it.

9                   Another weak point, we need --  
10 even though if the belt is not running, they  
11 need to be monitored regardless. I think  
12 it's a four-hour period in there that --  
13 once it shuts down, but it should be  
14 monitored at all times.

15                   Like I said, getting back to the  
16 hot roller that burnt the belt in two. This  
17 could still exist even after the four-hour  
18 period.

19                   Also, we're having a problem with  
20 the ventilation and the -- at the -- at that  
21 time during which they -- the alarm goes  
22 off, they can continue to run if they  
23 monitor the belt with people controlling the  
24 belt.

25                   Again, at our mines we got into

1 this. They would take whatever person is  
2 available. He might not have been in the  
3 mine six months and give him an instrument  
4 and tell him, go monitor that belt.

5 We need to stipulate what type of  
6 training to give this person, what he needs  
7 to do. Not just how to operate an  
8 instrument, what he needs to look for. That  
9 was someone with six months' experience. We  
10 need to stipulate -- again, that's a weak  
11 law. We need to know what -- a good bit of  
12 training.

13 Also, getting back to training on  
14 the -- what we call the CO person, which is  
15 the responsible person there in the mines,  
16 and the new proposal, all the training  
17 that's listed, we need to also include any  
18 new plans that is listed at our mines. We  
19 need to be familiar with all the plans.

20 Any questions?

21 MR. FRANCCART: Mr. Kahle, thanks  
22 for coming in this morning, first of all. I  
23 have two questions for you.

24 On the fire you had, can you give  
25 me a date on the fire? Do you have that?

1           MR. KAHLE: No, I haven't got the  
2 date with me. It's been in the past month.

3           MR. FRANCCART: Which mine was it?

4           MR. KAHLE: Jim Walter Number 7,  
5 number 10 belt.

6           MR. FRANCCART: One other  
7 question. You mentioned that we need to  
8 have a requirement to close the point-feed  
9 regulator and also open it. And one of the  
10 things we're concerned with is a reason for  
11 requiring the -- the requirement to open a  
12 point-feed regulator once it's closed. Can  
13 you give us some more information on why you  
14 think that's important?

15           MR. KAHLE: To -- to close --

16           MR. FRANCCART: To reopen it.

17           MR. KAHLE: To reopen?

18 Ventilation.

19           MR. FRANCCART: We plan on --

20           MR. KAHLE: To restore.

21           MR. FRANCCART: We're planning on  
22 closing it to evacuate miners.

23           MR. KAHLE: Right.

24           MR. FRANCCART: Once they're  
25 evacuated, why would you have to reopen it

1 at that point from the surface?

2 MR. KAHLE: To restore the  
3 ventilation in my opinion. You know, it's  
4 according to -- if you've got a drop curtain  
5 up to ventilate, the way ours operate, if --  
6 if you don't have enough air coming around  
7 say one entry, which is track entry, if  
8 the -- the ones we've dropped, if it's open,  
9 then it's just a matter of short circuiting  
10 the air, whichever regulator controls, which  
11 side the regulator is on that controls the  
12 air.

13 MR. FRANCAERT: I guess I have a  
14 hard time picturing why then a point-feed  
15 regulator would affect a drop-down curtain.

16 MR. KAHLE: In our track entry,  
17 which is our primary, the intake -- like I  
18 said, we've got to run through -- okay --  
19 whichever regulator controls. You've got a  
20 regulator on both sides. Okay? The belt  
21 entry is the next entry. You can control  
22 that by opening and shutting the  
23 point-feed. That's -- that's the reason  
24 they put it in to start with.

25 What we call long crosscuts, the

1 first crosscut inby, the feeder or the  
2 tailpiece, that would -- it would go to the  
3 least resistance there.

4 MR. FRANCCART: Okay. Thank you.

5 MS. SILVEY: Thank you,  
6 Mr. Kahle.

7 Our next speaker will be Joe  
8 Weldon, UMWA. Mr. Weldon.

9 MR. WELDON: Good morning.

10 MS. SILVEY: Good morning.

11 MR. WELDON: Joe, J-o-e,  
12 W-e-l-d-o-n. Chairman of the safety  
13 committee, Drummond Coal Company, local  
14 1948. I passed my class in public speaking,  
15 too.

16 And I want to read a few sections  
17 of the law which pertain to sections in  
18 which the district manager, assistant  
19 district manager can make provisions or  
20 recommendations to approve the plans.

21 Section 75.350 -- and it's going  
22 to be a bunch of them. 350(a)(2).  
23 75.350(b), which is talking about the use of  
24 belt air has to be approved by the district  
25 manager in the ventilation plan.

1 75.350(b)(3), 75.350(b)(7) and (8), which  
2 are -- these are in the proposed plan.

3 75.350(d)(1), 75.371, 75.371(jj),  
4 75.371(mm), 75.371(nn), 75.371(yy),  
5 75.371(zz), 75.380(f), 75.381(e).

6 And I've read all that for this:  
7 In District 11 we have suffered and we have  
8 had a history of problems, one being  
9 September 23rd, 2001 in Jim Walter Number 5.

10 Another one of our major problems  
11 is we basically have been without a district  
12 manager for the last three years. Our --  
13 and I'll explain why. Our district manager  
14 has been called upon to investigate the Sago  
15 mine disaster and is also investigating the  
16 Crandall Canyon disaster now.

17 And I realize he is doing and --  
18 and is investigating as he was instructed to  
19 do, but where does that leave us?

20 To add insult to injury, it left  
21 us with an assistant manager who for quite  
22 some time has been seeking a position in  
23 employment at a large coal operation and  
24 from all indications has acquired this  
25 position and will shortly leave to assume

1 this position. Then that's going to leave  
2 us without either one. We're going to  
3 basically be without an assistant or a  
4 district manager in our District 11.

5 We're in desperate need of a  
6 full-time district manager that is fully  
7 dedicated and available in District 11.

8 We also must have a qualified,  
9 caring assistant district immediately, both  
10 of which are more involved and more hands-on  
11 in our day-to-day business at hand.

12 Section 75.156 also deals with  
13 task training. And brother Kahle here kind  
14 of spoke on this a little bit. In June of  
15 '07 I believe it was, on page 36 in the  
16 131st page of the report of the technical  
17 study on utilization of belt air and  
18 compositions for fire retardant properties  
19 of belt materials in underground mines, I  
20 made the statement which dealt with our AMS  
21 operators, which is at -- at our mines is  
22 our CO operator.

23 I made the statement -- and it's  
24 in there, if you would like to look at it,  
25 page 36 of that. And I made the statement

1 and I spoke about all the qualifications and  
2 all the jobs that this operator had.

3 At our mines he has to deal with  
4 the CO systems. He has to deal with the  
5 contractors coming in the mines. He has to  
6 take names. He has to get lunches. He  
7 works 12-hour shifts. So, he has more on  
8 him than he can handle.

9 And if you'll look at that,  
10 you'll -- you might bring it to your  
11 remembrance. We would like to see this  
12 dealt with in this proposal.

13 We feel like that our CO person  
14 in our mines -- and some of the other guys  
15 that I have talked to in the safety  
16 departments has the same problems. That we  
17 would like a quick response, that we would  
18 like them to be able to monitor these  
19 systems and that would be their sole job and  
20 that they need more training to be able to  
21 recognize a situation and they can call the  
22 shots and get the people out of the mines  
23 immediately in the event of an emergency  
24 situation.

25 And that section of law that I'm

1 alluding to is 75.156. It says, to be a  
2 qualified AMS operator, the person shall be  
3 provided with task training on duties and  
4 responsibilities at each of the mines where  
5 an AMS operator is employed according with  
6 the mine operator approval plan, Part 48 in  
7 the training plan.

8           So, basically all they have to do  
9 is give them task training and say they can  
10 do the job and there they are. We feel like  
11 that this training is not sufficient,  
12 especially when you have at our mines and  
13 some of these other mines four to 500 people  
14 whose lives is on the line expecting one man  
15 with just a minimal amount of training to be  
16 able to call them out of the mines and  
17 recognize the dangers and the hazards of  
18 which we face every day in the mines.

19           Do you have any questions?

20           MS. SILVEY: I have a few  
21 comments. Thank you, Mr. Weldon. And you  
22 are -- you are -- you are correct in that we  
23 do have your comments to the Technical Study  
24 Panel.

25           I would like to say that with

1     respect to your discussion of the AMS  
2     operator and the training, that as you -- as  
3     I stated in my opening statement, that MSHA  
4     was going to develop a model training  
5     program and we're going to make it available  
6     to the entire mining -- our intent is to  
7     make it available to the entire mining  
8     community. And so -- and we anticipate  
9     doing that about the time that this rule  
10    goes into effect.

11             And with respect -- and also, in  
12    response to the Technical Study Panel  
13    recommendations, we propose that the AMS  
14    operator -- that that be a primary duty of  
15    that person, a primary -- we have taken some  
16    comments so that everybody can hear this  
17    because you can go to the -- to the  
18    transcript and you can -- anybody can read  
19    the comments. And -- and we got one comment  
20    that said that they went along with the fact  
21    that it should be a primary duty. They said  
22    they felt -- that they felt in the case of  
23    an actual emergency then it should be the  
24    AMS operator's only duty in the -- in the  
25    event of an actual emergency.

1           And so, you know, one of our  
2 goals is to -- one of our goals is to  
3 clearly make sure that we've laid out the  
4 requirements for training as best we can and  
5 to -- and to try to assure that the people  
6 who have duties -- responsible duties under  
7 this rule, that they are indeed adequately  
8 and sufficiently trained.

9           And on your comment -- I guess I  
10 feel obligated to comment as representing  
11 the Agency on your comment about the --  
12 the -- your -- not that it's the subject of  
13 this hearing, but the fact that District 11  
14 has been, as -- as you put it, sort of  
15 without a district manager -- basically been  
16 without a district manager the last three  
17 years. And so that everybody knows, you are  
18 indeed accurate.

19           I know that people understand  
20 that organizations have to make a lot of  
21 decisions sometimes in taking -- you know,  
22 in terms of how they assign their personnel  
23 and et cetera, et cetera. And you are  
24 right, that the district manager in this  
25 district has been the -- the leader of now

1 two unfortunate accident investigations as  
2 you commented, Sago and then more recently  
3 Crandall Canyon and which probably -- not  
4 probably. I can strike probably. Which has  
5 taken him unfortunately out of the district  
6 for a lot of the time.

7           And you know, when agencies make  
8 that decision, often times they decide to  
9 pick what -- who they perceive can be maybe  
10 the -- not that there are other people that  
11 they can't pick, but they pick people who  
12 they perceive may be the best people to lead  
13 that task.

14           And -- and it's something that  
15 has to be done. And particularly,  
16 unfortunately, as many of you know what  
17 we've been undergoing for the last two or  
18 three years, we've had a number of events  
19 to -- tasks to do sort of that came  
20 together. So, we were pulling people out of  
21 various different -- not to defend what we  
22 did, but I guess at some point to defend it,  
23 we were pulling people out of various  
24 different positions.

25           And so sometimes, you know, when

1     you do that, you just kind of have to do --  
2     I sort of fall back on maybe some things my  
3     parents said to me. You sort of do the best  
4     you can. And I -- I hope that we did -- I  
5     think we did the best we could, but we will  
6     take your comments -- you know, we will take  
7     your comments in that regard to the people  
8     who are higher than me here. So, I just did  
9     want to respond to that.

10                 So, thank you. Thank you very  
11     much for your comments.

12                 MR. WELDON: Thank you.

13                 MS. SILVEY: I'm -- I'm sure we  
14     must have one more speaker. Do we have one  
15     more speaker?

16                 Mr. Wilson. We may have more  
17     than one more speaker.

18                 MR. WILSON: Good morning.

19                 MS. SILVEY: Good morning.

20                 MR. WILSON: I'm Thomas Wilson  
21     with the UMWA International.

22                 I would like to start just by  
23     commenting on our last speaker, brother Joe  
24     Weldon's comments.

25                 With all the references to

1 district managers approving belt air usage  
2 in ventilation plans and with the  
3 recognition that district managers are often  
4 called on to do other duties besides the  
5 district manager, I believe that would be a  
6 responsible -- responsibility better carried  
7 out by the Arlington office.

8 Over the years we've often had  
9 different levels of enforcement from  
10 district to district. And I believe also  
11 that if that was centralized into the  
12 Arlington office, we would get a more  
13 standardized application.

14 I want to start in the final  
15 report of the Technical Study Panel on  
16 utilization of belt air and composition and  
17 fire retardant properties of belt materials  
18 in underground coal mines. First on page  
19 six.

20 The panel stated -- perhaps the  
21 most important safety recommendation made by  
22 the panel was the recommendation that --  
23 perhaps the most important safety  
24 recommendation made by the panel was the  
25 recommendation that deals with the

1 application of improved belt availability  
2 standards.

3 MS. SILVEY: Maybe we'll take  
4 a -- I'm sorry to do this. Do you want to  
5 take -- we want to take a 10-minute break  
6 because we can't -- we can't go through with  
7 this noise.

8 MR. WELDON: That's fine.

9 (A break was taken at 10:34 a.m.  
10 and the hearing resumed at  
11 11:00 a.m.)

12 MS. SILVEY: At this time we will  
13 reconvene the Mine Safety and Health  
14 Administration's public hearing on the  
15 Agency's proposal that would implement the  
16 recommendations of the Technical Study Panel  
17 including flame-resistant conveyor belts,  
18 fire prevention and detection and the use of  
19 air in the belt entry.

20 We will now continue the  
21 testimony of Mr. Thomas Wilson, United Mine  
22 Workers International.

23 MR. WILSON: As I stated earlier,  
24 I was going to start reading from the final  
25 report of the Technical Study Panel --

1 THE COURT REPORTER: I'm sorry.

2 The microphones aren't working at all

3 MR. WILSON: Third attempt.

4 Reading from the final report of the  
5 Technical Study Panel on the utilization of  
6 belt air and composition in fire retardant  
7 properties of belt materials in underground  
8 coal mining on page six, perhaps the most  
9 important safety recommendation made by the  
10 panel was the recommendation that deals with  
11 the application of improved belt  
12 flammability standards to belt materials  
13 used in U.S. underground coal mines. The  
14 aim of the belt is to prevent belt entry  
15 fires and not merely to suppress them.

16 The panel found that belt fires  
17 continued to occur in MSHA accepted belts,  
18 that the belt standard should more closely  
19 resemble real in-line conditions and that  
20 underground mining conveyor belt flame  
21 resistant standards worldwide are more  
22 stringent than the standards applied in the  
23 United States.

24 Thus, the panel recommends that  
25 more rigorous belt standards should be

1 applied to belt materials used in  
2 underground coal mines.

3 I believe that proposed 75.1108  
4 completely fails to achieve this purpose.  
5 Please let me explain. If you look at  
6 75.1108 proposed language under 2(b), it  
7 reads effective, and then in parentheses,  
8 insert date, one year after date of  
9 publication on final rule in the Federal  
10 Register, close parentheses, all conveyor  
11 belts purchased for use in underground coal  
12 mines shall be approved under Part 14 of  
13 this chapter. I strongly disagree with the  
14 word "purchased".

15 There was some discussion earlier  
16 and I want to attempt to elaborate on it.  
17 As I read this proposed rule, there's going  
18 to be a one -- one year after the final rule  
19 comes out, gets published, there's one year  
20 before implementation. During that year, I  
21 could stock -- if I was a coal operator, I  
22 could start stockpiling conveyor belts.  
23 Knowing the life of the mine that I'm  
24 running, I could virtually stockpile enough  
25 conveyor belts to close that mine without

1 ever complying with this standard and  
2 without my miners ever having the safety  
3 feature that was intended by this standard.

4           And this is not just  
5 hypothetical. In the past as we were  
6 negotiating petitions for modifications when  
7 we were negotiating for fire retardant belts  
8 as part of those petitions, we actually had  
9 operators stockpile belts to keep from  
10 complying -- from including the new belt  
11 which they had agreed to.

12           I'm simply saying that for this  
13 to be effective to all the miners which it's  
14 intended to serve that language should be  
15 changed to all conveyor belts used.

16           On page seven, the same report, a  
17 considerable amount of panel time and  
18 thought was given to the efficiency of the  
19 atmospheric monitoring system including the  
20 level of training the AMS operator receives,  
21 the specific tasks assigned to the AMS  
22 operator and the type of electronic sensors  
23 used in such system.

24           The AMS related recommendations  
25 are that all AMS operators be certified and

1 that the highest priority of the AMS  
2 operator must be the proper operation of the  
3 response to the AMS.

4           Again, I am concerned on how  
5 75.156 addresses this issue. 75.156 -- or  
6 proposed 75.156, ASM operator,  
7 qualifications, little a, to be a qualified  
8 AMS operator a person shall be provided with  
9 task training on duties and responsibilities  
10 at each mine for an AMS operator who is  
11 employed in accordance with the mine  
12 operator's approved Part 48 training plan.

13           Little b, an AMS operator must be  
14 able to demonstrate to an authorized  
15 representative of the secretary that he or  
16 she is qualified to perform in the assigned  
17 position.

18           Again, I am going to attempt --  
19 there's been other testimony on what all an  
20 AMS operator does. But unfortunately, in  
21 the aftermath of the Jim Walter Number 5  
22 mine disaster, we found out just how  
23 dramatically his responsibilities and his  
24 role changes the instant an emergency  
25 starts.

1                   We've testified about this to the  
2                   Technical Study Panel. I take the blame in  
3                   that undoubtedly we didn't get it across  
4                   very clear.

5                   We live in a cell phone age.  
6                   Just about everybody carries a cell phone.

7                   At Jim Walter Number 5 on  
8                   September 23rd, the phone system simply  
9                   worked that it held the calls in the order  
10                  that they was received. So, miners  
11                  underground calling out to get emergency  
12                  information or to report emergency  
13                  information were competing for the same  
14                  phone line that everybody in the community  
15                  was competing for trying to get information  
16                  as to what was unfolding at Jim Walter's  
17                  Number 5 mine. I don't see anything in the  
18                  proposal that remedies that problem.

19                  Ultimately, as the phone calls  
20                  started backing up, it virtually shut down  
21                  communications with the underground coal  
22                  miners. The AMS operator, CO room operator  
23                  or responsible person, whatever the title  
24                  is -- and at most of our mines the CO  
25                  operator is the responsible person. He was

1 absolutely held captive by having to answer  
2 each and every call in the order that it  
3 came in.

4           Miners underground in the midst  
5 of the aftermath of an explosion had to wait  
6 on hold while the CO operator answered  
7 phones from curious passerbys or upper level  
8 management that was calling in. Everybody  
9 competed for the same phone line.

10           I'm urging this panel between now  
11 and the final closing of this rule to  
12 correct that wrong. Failing to do it -- you  
13 can have the best system in the world, but  
14 if your operator or responsible person  
15 cannot respond to it, we've gained nothing.

16           We've already had a situation --  
17 and I know you have access to all the  
18 reports, the MSHA report, the UMWA report on  
19 September 23rd. They all clearly laid out  
20 at the time the emergency starts -- I don't  
21 know if you switch off outside phones, if  
22 you -- if you -- but there has to be someway  
23 that that CO operator can focus on the  
24 emergency at hand.

25           Continuing to read from -- in

1 the same report, in June of 2008, I  
2 testified before that panel. And I'm still  
3 concerned with the problem -- should the  
4 problem be corrected that I pointed out in  
5 1108 earlier and all belts are going to be  
6 required to be new belts.

7 And I'm still curious as to the  
8 improvement to remove combustible belts from  
9 the mines, why we still allow operators who  
10 choose to use belt air to ventilate the  
11 working face to fill those entries with  
12 combustible wooden roof supports.

13 As I testified on -- in June of  
14 '07, it is essential that a non-combustible  
15 standing support -- standing roof support be  
16 utilized if that air is going to be used to  
17 ventilate the working face. Anything less  
18 is just removing one combustible and adding  
19 another; removing one fuel, adding another.  
20 There is a non-combustible standing roof  
21 support and every operator -- every operator  
22 is capable of doing that.

23 Some of the worst mine fires --  
24 belt mine fires that I have ever been  
25 associated with was smoldering that later --

1 later turned into a full-fledged fire of  
2 wooden material in the belt entries. Again,  
3 I would urge this panel to seriously address  
4 that.

5 I'm going to page 35029 of the  
6 proposal, 35029. Proposed 14.3, derived  
7 from 18.9(a), would limit the individuals  
8 who may be present during testing and  
9 evaluation to MSHA, representatives of the  
10 applicant, and other persons as agreed upon  
11 by MSHA and the applicant.

12 That language concerns me. More  
13 particularly, the last part of it where it  
14 says -- I'm going to start reading -- as  
15 agreed upon by MSHA and then it continues  
16 on, and the applicant. I believe MSHA  
17 should be determining participation in that  
18 and we shouldn't include language where the  
19 applicant would have to agree with you as to  
20 whether or not the miners' representatives  
21 or others would have -- would have  
22 representation. And again, just the "and  
23 the applicant" is the language that concerns  
24 me.

25 On page 35030, proposed 14.7(d)

1 is new and would require that the applicant  
2 maintain sales records for five years  
3 following the initial sale of any proposed  
4 conveyor belt. I rise in disagreement with  
5 the five years and believe that the sales  
6 records should be maintained with the belt  
7 for the duration, including being maintained  
8 through any sale or resale of that belt.

9           On page 35031, proposed 14.11(d)  
10 would provide for immediate suspension of  
11 the approval of the product without prior  
12 written notice to the approval holder if the  
13 product poses an imminent danger or hazard  
14 to the safety or health of miners. The  
15 suspension may continue until revocation  
16 proceedings are completed. Consistent with  
17 MSHA's practice, once an approval is  
18 suspended, MSHA would notify the public of  
19 this action to recall notices on its  
20 website.

21           I -- I don't believe posting it  
22 on the website is adequate. Many miners and  
23 miners' representatives do not have computer  
24 access and I believe written notification  
25 should also be provided.

1                   On page 35053, proposed 75.156,  
2   AMS operator, qualifications. Just to recap  
3   that, I strongly believe that AMS operators  
4   need far more than task training. His world  
5   totally changes when that emergency starts  
6   unfolding.

7                   75 -- I mean, excuse me, page  
8   35054, in the first column under 350(d)(1)  
9   about the middle of the page it reads, the  
10  air current that will pass through the  
11  point-feed regulator must be monitored for  
12  carbon monoxide or smoke at a point within  
13  50 feet upwind of the point-feed regulator.  
14  I rise in support of must be monitored for  
15  carbon monoxide and smoke.

16                  The same page, the last column,  
17  little four at the top of the page reads,  
18  this provision shall be effective one year  
19  after the secretary has determined that a  
20  smoke sensor is available to reliably detect  
21  fire in an underground coal mine.

22                  I personally believe that the  
23  technology is already available and I rise  
24  in disagreement to the one-year extension  
25  after the secretary has determined that it's

1 available.

2 Under (q)(1), all AMS operators  
3 must be trained annually in the operation --  
4 proper operation of the AMS. This training  
5 must include the following subjects. And it  
6 lists all the subjects.

7 At every one of the underground  
8 mines that I represent and that I know of  
9 plans are constantly being submitted to MSHA  
10 and constantly being changed. Ventilation  
11 changes, section startup, section shutdown.  
12 Annual training is not adequate to have a  
13 knowledgeable AMS operator.

14 In addition to what's listed, he  
15 should also be trained or receive retraining  
16 after any approval of any plan that changes  
17 the scenario which he is monitoring.

18 Moving on down and under number  
19 two, that's (q)(2) which states at least  
20 once every six months all AMS operators must  
21 travel to all working sections. I believe  
22 that should be -- there should be an  
23 addition to that to say and at the startup  
24 of any new section.

25 He could be doing his six months'

1 underground visits and one week after he's  
2 underground the scenario changes. Those  
3 miners are for six months relying on him  
4 with outdated knowledge. The burden on the  
5 operators for all these changes would only  
6 be limited to their proper planning and  
7 designing the mines if they plan ahead and  
8 every -- every other day they don't have to  
9 submit a supplement their training requires  
10 them to do.

11           Looking down under 75 -- still on  
12 the same page -- 352, starting with (f),  
13 minimum air velocity is not maintained when  
14 required under 75.350(b)(7), immediate  
15 action must be taken to return the  
16 ventilation system to proper operation.  
17 While the ventilation system is being  
18 corrected, operation of the belt may  
19 continue only while -- and I want to put  
20 emphasis on these words -- a trained person  
21 controls and continuously monitors for  
22 carbon monoxide or smoke as set forth in  
23 75.352(e)(3) through (7) so that the  
24 affected areas will be traveled in their  
25 entirety.

1           That language in itself I believe  
2    is not comparing apples to apples.  Simply  
3    having a trained person that controls and  
4    monitors is not the same as what -- the  
5    system that needs replacing.  The system  
6    that that person is replacing is  
7    continuously sending information to the CO  
8    operator.  What I believe has been left out  
9    of that language is that that person that's  
10   doing the controlling and monitoring must  
11   have the ability to continuously communicate  
12   to provide that equal protection.

13           On page 35055 under 75.380 and  
14   that's Roman numeral little six reads,  
15   securely attached to and marked to provide  
16   tactile feedback indicating the location of  
17   any SCSR storage locations in the  
18   escapeways.  The tactile feedback for SCSR  
19   storage locations shall be six back-to-back  
20   directional cones.

21           All the language that's  
22   pertaining to the improvements in the  
23   lifelines, I want to applaud y'all for  
24   taking those steps.  Since we've been  
25   installing lifelines in the mines -- I get

1 the privilege of going to various mines.  
2 The use of the cones are not the same at any  
3 other locations. And that's -- that's  
4 troubling in several -- we do have  
5 contractors that go from mine to mine, and  
6 expecting them to understand and -- and  
7 grasp different and non-standard use of  
8 lifelines is unreasonable.

9           There's some operators which have  
10 been using -- for example, we have a branch  
11 line that goes to your SCSRs. They've been  
12 using and -- and training on an additional  
13 cone at that location.

14           We've got other operators that  
15 absolutely refuse to put any -- any type of  
16 signal on a branch line. With no visibility  
17 you're supposed to know when you come to a  
18 branch line to branch off. I believe the  
19 additional cones are the proper direction to  
20 go. Again, I would rise in support of that  
21 language.

22           On page 35056, again, under  
23 75.1108, I want to again encourage this  
24 panel to revise that language so that it  
25 reads all conveyor belts used for use in

1 underground coal mines shall be approved in  
2 Part 14 of this chapter.

3           The reality of the hazard that  
4 comes with a belt fire is far too real for  
5 coal miners. I don't know the exact timing  
6 of this, but my understanding is y'all were  
7 in Charleston, West Virginia on Tuesday.  
8 And I believe that y'all were leaving the  
9 state and preparing to come here and I  
10 believe you dodged a bullet.

11           The Justice mine at southern  
12 West -- in southern West Virginia, which is  
13 owned by Massey, had a fire at a belt  
14 transfer point. It took four miners to put  
15 the fire out. One of the four did go down  
16 in the smoke. It's been essentially  
17 reported to me that I believe that he's  
18 going to be okay.

19           Belt fires is not a rare thing.  
20 It's a common thing. And we need all the  
21 protection we can to help us in those  
22 situations.

23           I did understand you earlier  
24 when -- Ms. Silvey, when you said that  
25 MSHA's plans are to come up with AMS

1 operator training and make it available to  
2 all operators. That in itself -- I  
3 appreciate that, but I think there needs to  
4 be language changed to actually -- to ensure  
5 that that AMS operator is up for the task  
6 that he has to do because everybody's lives  
7 depends on him performing that task.

8 With that, I thank you and I'll  
9 answer any questions.

10 MS. SILVEY: I think I -- thank  
11 you, Mr. Wilson. I think I said that we  
12 would make the training program available to  
13 the entire mining community.

14 Since I'm thinking about IT,  
15 information technology, now and your  
16 comment -- I have to do these things as I  
17 think about them. And your comment about  
18 the website, everybody doesn't have access  
19 to the website, on the -- when we sent our  
20 users notice that we were suspending the  
21 approval, if -- and you said that we should  
22 send notification and I believe you said we  
23 should send out written notification.

24 MR. WILSON: I did.

25 MS. SILVEY: If we sent out -- in

1 such a situation where we had to send out a  
2 recall notice, if we sent a letter to the  
3 UMWA International or -- either you can  
4 answer -- answer me now or before the record  
5 closes on September the 8th what you  
6 consider would constitute -- suffice written  
7 notification.

8           If we sent our -- if we sent a  
9 letter to the International or for an  
10 example -- I mean, who do you see us in  
11 terms of sending specific written  
12 notification to? Would that suffice and  
13 then the International could get it to all  
14 its local unions? Anyway, something along  
15 that line.

16           You know, I like -- we asked in  
17 the -- and I'm going to try to remember  
18 now. And the panel can help me, if I can't  
19 remember. We put some -- when we did the  
20 regulatory economic analysis -- the  
21 Preliminary Regulatory Economic Analysis, we  
22 had in there a suggested time period for the  
23 service life of a belt and I think of a  
24 conveyor belt and I think we used two  
25 periods.

1                   We used -- one was seven years  
2                   and 10 years respectively for the -- seven  
3                   years for the -- seven -- seven years for  
4                   the section -- for the section belts and 10  
5                   years for the main line belts. Or is it six  
6                   years and 10? Six years for the section  
7                   belt and 10 years for the main line belts.

8                   And if anybody wants to comment  
9                   on our estimate of the service life for  
10                  those particular belts in those particular  
11                  sections of the mine, we would -- I -- we  
12                  would appreciate that.

13                  With respect to training for the  
14                  AMS operator -- and you said we needed more  
15                  than task training. Now, when we -- as you  
16                  pointed out -- and you gave -- you have  
17                  given some added suggestions about when to  
18                  train. But we put specific subjects that  
19                  were to be covered in the training in the --  
20                  as you noted in 75 -- in proposed 75.156.

21                  And when you say more than task  
22                  training, would you sort of be more specific  
23                  in -- because we proposed that under the  
24                  task training section of 4827. Would you be  
25                  more specific when you say more -- and you

1 don't have to do it right now. If you  
2 want -- you can do it right now, if you want  
3 to, or you can do it before the record  
4 closes.

5 MR. WILSON: I will go forward  
6 and say that any person that's expected to  
7 deal with an emergency situation must go  
8 through mock training or the disaster  
9 training, emergency response training, those  
10 types of hands-on scenarios.

11 The first time that you are  
12 called upon to deal with an emergency  
13 shouldn't be the real thing if you want  
14 favorable results out of it. We'll look at  
15 what we need to expand that.

16 MS. SILVEY: Okay. That will be  
17 fine.

18 With -- with respect to the  
19 comments that you made on tactile feedback  
20 with lifelines -- and I -- I mentioned that  
21 in the opening statement. I -- and I -- and  
22 I appreciate your comments, but -- so, I  
23 take it that the specific proposal that we  
24 proposed, you are in agreement with that?

25 MR. WILSON: Yes, ma'am.

1 MS. SILVEY: The specific  
2 proposal?

3 MR. WILSON: Yes, ma'am.

4 MS. SILVEY: As other people have  
5 heard, I would like it if everybody would  
6 provide comments to us on that.

7 Your comment about the -- you  
8 gave the scenario at Jim Walters, the  
9 ability to continuously communicate to  
10 provide protection -- wait a minute. I  
11 don't mean that one.

12 The one -- the one you gave on  
13 communication where the AMS operator had to  
14 wait in line to answer inquiries because he  
15 was answering inquiries from everybody the  
16 way the communication was set up. So, he  
17 had to wait in line even if people were  
18 calling from underground. That comment,  
19 are you suggesting -- that -- you are  
20 suggesting -- I'm understanding what you  
21 said that that went to the basic  
22 communication system in the mine; is that  
23 right, the way the communication system was  
24 set up, the phone system?

25 MR. WILSON: Yeah. The phone

1 system in the CO room.

2 MS. SILVEY: Okay. I just wanted  
3 to make sure I got that. I think that's  
4 all.

5 MR. KALICH: I did have a  
6 question about the -- just to clarify the  
7 communication, what Pat had just asked you  
8 about. So, in the mine communication the  
9 phone lines are also tied in with the  
10 outside phone lines so someone from outside  
11 could actually call underground?

12 MR. WILSON: That's correct.

13 MR. KALICH: And then -- and  
14 during the emergency it tied up the system?

15 MR. WILSON: That's correct.

16 MR. KALICH: And one other  
17 question on the AMS operator training. You  
18 suggested there's some type of hands-on  
19 actual -- well, emergency type drills to be  
20 performed with the AMS operator?

21 MR. WILSON: Yes.

22 MR. KALICH: I guess something  
23 like an emergency exercise?

24 MR. WILSON: Yes.

25 MS. SILVEY: I thank you very

1 much. I thank you.

2 MR. WILSON: Thank you.

3 MS. SILVEY: At this point, is  
4 there someone else who wishes to comment?

5 MR. McNIDER: Tom McNider, Jim  
6 Walter Resources. M-c-N-i-d-e-r.

7 There was a comment about the  
8 communication system in the mine and I just  
9 want to clear that up. You can't call  
10 directly underground. You can call the  
11 dispatcher on the -- not the dispatcher, but  
12 the control room operator who is outside.  
13 He can dispatch you underground. You can  
14 talk to somebody outside, but you cannot  
15 call directly underground.

16 I'm not sure what phone systems  
17 exactly we had in place at that time. There  
18 probably was a Bell type phone system that I  
19 believe was in place at the mine then and  
20 also there were probably some pager type  
21 phones that were scattered throughout.

22 MS. SILVEY: Well, I gather --  
23 and I'm trying to -- I gather what  
24 Mr. Wilson said is whatever type phone  
25 system it was, the AMS operator was

1       answering calls from people that -- and I'm  
2       just making this up hypothetically.  People  
3       calling from Northport to -- into the mine,  
4       then the underground -- the miners who were  
5       underground were calling to the same AMS  
6       operator and the way the -- that line was  
7       set up is that the AMS operator had to  
8       answer them in the -- in the manner in which  
9       they came in.

10                So, if -- if the person from  
11       Northport was number one, I'm just saying  
12       hypothetically, in line and the -- and a  
13       person from Tuscaloosa was number two and an  
14       underground miner was number three, the AMS  
15       operator took Northport, Tuscaloosa and  
16       Brookwood -- let's say that was three.  And  
17       then took the number four, took the person  
18       from underground?

19                MR. McNIDER:  I'm not sure about  
20       that.

21                MS. SILVEY:  Okay.

22                MR. McNIDER:  We can find out.

23                MS. SILVEY:  Yeah.  Okay.

24                MR. McNIDER:  There is a common  
25       phone type panel that you can look at.  You

1 know, I wouldn't want to sit here on the  
2 record right now and tell you what it was,  
3 but we can look into that.

4 MS. SILVEY: So, is there  
5 anything else you would like to say? I  
6 would -- I wouldn't mind if -- if you all  
7 are going to submit comments -- and  
8 everybody I'm asking this. So, everybody  
9 who is here sees that. If you would please  
10 submit the comment -- the last comment I  
11 just asked on the -- on our estimate -- and  
12 that was clearly our own Agency estimate on  
13 the service -- on the service life of the  
14 belts, the section belts and the main line  
15 belts.

16 And if you would also submit  
17 comments on -- what I used in my opening  
18 statement about repairing -- a splicing kit  
19 and that is the requirement that it be  
20 spliced to maintain the -- its original  
21 fire-resistant qualities. And if you would  
22 have any suggestions on how we would  
23 evaluate that, I would appreciate -- we  
24 would appreciate that.

25 MR. McNIDER: As far as the

1 record and you requesting comments, I will  
2 say one thing about the -- MSHA is  
3 requesting whether -- what actions operators  
4 should take on the .5 to one percent of  
5 Methane.

6 MS. SILVEY: That's right.

7 MR. McNIDER: And I've been in  
8 ventilation -- directly associated with  
9 ventilation for 32 years in probably some of  
10 the gassiest mines in the world,  
11 particularly in north America.

12 And I can tell you that in my  
13 experience -- and this coal here at Jim  
14 Walter typically would run four to 600 cubic  
15 feet per ton of Methane, which is extremely  
16 gassy. But where you would get into a  
17 problem on the belt line -- you might get  
18 some liberation from the coal, but typically  
19 it's from the stride. And -- but as you  
20 approach the higher levels of Methane, the  
21 best action for the operator is to keep  
22 positive ventilation on the belt; in other  
23 words, where it's going in one direction as  
24 much as it can and dilution. That's the two  
25 best things.

1           Then, you know, you have in the  
2 record where velocity is a thousand feet,  
3 but you can go to the district manager and  
4 try to get approval for higher velocities.

5           So, you know, my position has  
6 always been that there -- there shouldn't be  
7 an upper limit on -- on velocity. When you  
8 need belt air and you have a gassy mine, you  
9 need to put the velocity necessary to dilute  
10 the gas and render it harmless and to assist  
11 the sections.

12           Behind that you have to deal with  
13 the dust situation. So, as your velocities  
14 go up, you might be getting other problems  
15 like float dust or something like that. But  
16 there's already regulations in place to --  
17 for inspection of float dust and things you  
18 can do to control float dust.

19           But the -- the biggest hazard to  
20 the miner is Methane. And if you get into a  
21 problem, if you try to go and start taking  
22 Methane and taking it away as you're going  
23 into upper levels on the gas -- let's say  
24 you looked at trying to limit that somehow,  
25 like taking it to a return and not taking

1       that to the face, which is going away from  
2       belt air, to me that is the biggest mistake  
3       that MSHA can make.

4                Because what you've done then --  
5       and I've commented before in Birmingham -- I  
6       went through an exercise of showing where  
7       you go from ventilation directed to the face  
8       to taking that and then you start trying to  
9       regulate one split and then also take it and  
10      dump it into a section of the return. The  
11      control on that becomes extremely difficult.

12               And then you get to where you  
13      struggle with positive pressure from the  
14      intake escapeway or from the smoke-free  
15      intake into the belt line. You also  
16      struggle with where you've got two splits  
17      going in and one of them is going to be the  
18      predominant split. Trying to keep control  
19      between those two splits that you're trying  
20      to take air away from the face and dumping  
21      it into a return, that is a huge hazard and  
22      it is a very difficult thing to do.

23               And I've seen many situations --  
24      when I first started with Jim Walter  
25      Resources before belt air was in place to

1       where we had what we call ventilate to  
2       neutral and not ventilate into the face and  
3       directing it back to a return.  And I've  
4       seen many times where that would become a  
5       big problem where you get stagnant flow and  
6       you would get Methane that would build up  
7       and could potentially get to the explosive  
8       level.

9                   Positive ventilation is the best  
10       thing you can do in a gassy coal mine.  You  
11       need air directed to the face.  And when you  
12       start getting into the upper levels of  
13       Methane, you need to be where you can add  
14       dilution, not take it away.  And to me that  
15       is the way MSHA needs to look at this.

16                   You know -- like I said, you  
17       know, I'm not -- from our position, you  
18       know, I'm not -- the rule before was 500  
19       feet per minute on velocity.  Now it's gone  
20       up to a thousand feet.  You know, I think  
21       that is accepting probably comments that  
22       have been made in the past and -- and it's  
23       also opened it to going to the district  
24       manager if you need to go over and above  
25       thousand.

1           I think -- I think it should be  
2     in the rule. It shouldn't be limited. I  
3     think there are safeguards in place to  
4     address what -- how velocities can create --  
5     I know there has been some comment about  
6     these sensors, you know, react to the higher  
7     velocities. And you met our guy that --  
8     Randy Watts commented from Jim Walter's  
9     point of view and, you know, we buy  
10    off-the-shelf sensors. To my knowledge,  
11    that's not been an issue.

12           So -- but the danger lies when  
13    you're going -- and I don't know exactly  
14    what MSHA is looking for, but just because  
15    the belt line is approaching one percent,  
16    the other actions you can take could be  
17    potentially way more hazardous to the mine  
18    than to put dilution in there. To me that's  
19    the most straightforward way to do it.

20           The only other comment I had --  
21    and, you know, since I've been talking, I'll  
22    go ahead and address this -- is where you --  
23    and the rule addressed like -- under 1700,  
24    maintenance. And to me that's extremely  
25    subjective. It gets into another one like

1     what's a bad -- is the roller bad, is it not  
2     bad and you shut the belt down. And then it  
3     says you will immediately change the roller.

4             There again, I believe that -- in  
5     talking about alignment for the belt, you  
6     know, what's proper alignment? One person  
7     comes in and thinks the belt is aligned.  
8     The next person comes in and he thinks the  
9     belt is not aligned.

10            Under old shift examinations and  
11     hazards, that's already -- to me there's  
12     provisions in the law today that address  
13     that. I don't see where this adds benefit  
14     to it.

15            It's already in MSHA's  
16     prerogative if they think they have a hazard  
17     or if it's an operator and he thinks he has  
18     a hazard, you address it. But to put it in  
19     here to where, you know, it's addressing a  
20     bad roller or an alignment, those are  
21     operation type things that to me are too  
22     loosely, you know, identified. There's too  
23     much subjectivity. That's basically it as  
24     far as --

25            MS. SILVEY: Okay. Thank you.

1 On your last comment, we have taken other  
2 comments on that whole issue of belt  
3 maintenance and some of them -- some of the  
4 comments were like you said that they were  
5 too subjective.

6 I would only -- I would add two  
7 things. One, in terms of MSHA's intent --  
8 and -- and we do appreciate some of the  
9 comments we got. In terms of MSHA's  
10 intent -- and I have said this before. We  
11 talked about damaged rollers and one of the  
12 persons used that term, "damaged rollers".  
13 What do you mean by damaged? They used the  
14 term "immediately" and they gave some  
15 examples of -- you know, of how immediately  
16 it could be problematic.

17 But we intended -- and I'm  
18 saying -- and I'm probably saying this for  
19 the third time now. We just intended sort  
20 of the common dictionary term of damage --  
21 what damage was. But I would suggest to  
22 everybody in here, if you have other  
23 suggestions that -- where you believe that  
24 that would make that proposed provision more  
25 definitive and clear, more clear, if you

1 could submit them to us before the record  
2 closes.

3           And then I would also add --  
4 another thing I would add is that we will go  
5 back and look at that provision so that we  
6 sort of -- we try to make it as -- as clear  
7 and as definitive as we can in the final  
8 rule.

9           One other thing. On your -- on  
10 you all's lifelines -- and this is not  
11 putting you on the spot, but since you are  
12 up here now, on your lifelines in your mines  
13 now in terms of -- well, right now it's just  
14 the directional indicators, just the  
15 requirement for directional indicators right  
16 now. Do you all use cones?

17           MR. McSNIDER: Yes.

18           MS. SILVEY: You do use cones.  
19 And are they standardized in all your mines?

20           MR. McSNIDER: Yeah.

21           MS. SILVEY: But I would still go  
22 back to my original comment and ask you to  
23 comment on that. We would -- you know,  
24 we're interested in comment on that  
25 provision, too, just from -- only from the

1       standpoint of making it -- trying to be as  
2       clear and as simple as we can with the  
3       ultimate goal being that miners can be  
4       easily trained in what to do in the event of  
5       an emergency.

6               MR. McSNIDER: All right. Let  
7       me -- I would like to make one other comment  
8       I just thought of. You know, the position  
9       of the control room operator, the CO person  
10      outside --

11             MS. SILVEY: You all call that --  
12      you are saying the CO person. I'm calling  
13      it -- just so I make sure we're talking  
14      about the same person, I'm calling it the  
15      AMS operator.

16             MR. McSNIDER: Okay. Yeah, the  
17      AMS operator.

18             MS. SILVEY: Tom used the CO --  
19      or somebody else used -- maybe used the CO  
20      person. I think so, yeah.

21             MR. McSNIDER: Right.

22             MS. SILVEY: Maybe not. But I'm  
23      just -- so that we know we're all talking  
24      about the same person.

25             MR. McSNIDER: Right.

1 MS. SILVEY: Okay.

2 MR. McSNIDER: You know, that is  
3 an extremely important position. And I  
4 mean, I -- I certainly appreciate the  
5 comments coming from the union. And we did  
6 experience that in 2001. We saw the need  
7 and where that became a responsible party,  
8 and I fully endorse what Tom says about the  
9 need for that person knowing his job and  
10 being responsible.

11 But I would like to say that that  
12 person's job as an -- in our case, after  
13 2001, he also became a responsible party.  
14 MSHA needs to be very -- his job needs to be  
15 more encompassing than just watching the CO  
16 monitors and that job only.

17 He needs to know the mine. He  
18 needs to -- and our guy is involved in the  
19 actual operation of the mine. It keeps him  
20 fully aware of tracking people as part of  
21 his responsibility.

22 So, you know, we do commend MSHA  
23 about the -- the training. How often do you  
24 do it? You know, what does he train? We've  
25 already set up some -- and I say some. I

1 mean, that's coming under our safety  
2 department. So, I'm not that familiar  
3 exactly.

4 But I know they go through  
5 emergency preparedness for -- for that  
6 person. And annual training -- you know,  
7 there is a question of how often do you  
8 train. And if that guy is involved in the  
9 mine, believe me he is fully -- that keeps  
10 him at point on knowing what's going on in  
11 the mine.

12 MS. SILVEY: Well, if that  
13 person, if -- if the AMS operator is the  
14 responsible person at your mine, that person  
15 is doing -- doing -- should be -- is doing  
16 the emergency mine evacuation training; is  
17 that right?

18 MR. McSNIDER: That's correct.

19 MS. SILVEY: So, they are  
20 doing -- they're doing the expectations  
21 training.

22 MR. McSNIDER: That's my point.  
23 They're getting over and above at the mine.  
24 And I know it's part of Jim Walter's  
25 position that that guy needs to be involved

1 in, you know, where people are. That keeps  
2 him involved in what's running in the mine.  
3 That keeps him involved in the -- in the  
4 day-to-day operations of the mine. And MSHA  
5 needs to be very careful about trying to  
6 limit his exposure to what's going on in the  
7 mine.

8 Now, you know, is there a limit  
9 to what a person can physically do and keep  
10 up with? Sure, there is. But -- but he  
11 needs to be more involved than just watching  
12 the CO monitor system.

13 The only other thing I was going  
14 to say is that there are people who do these  
15 jobs that are fully qualified to do the job  
16 as an AMS operator, but he may have a  
17 physical limitation of physically going  
18 underground. We question, you know, the  
19 real need for him to go underground.

20 Sure, he's seen the mine, but  
21 most of these people are miners. They are  
22 people that have come up through the mines.  
23 They've been in management. They may have  
24 come out of the workforce. So, you know,  
25 I -- we're not sure what real benefit you

1 gain by doing that.

2 MS. SILVEY: Well, we got that  
3 comment before. We've gotten that comment.  
4 I can't remember who, but as I've said to  
5 everybody in here, you can go on the website  
6 and see the transcript.

7 There are two points I guess -- I  
8 I guess would make. And one is -- because I  
9 asked this gentleman the same thing. Do you  
10 have any people at your mines who fit in  
11 that category who would be physically  
12 incapable of -- or couldn't go underground?

13 MR. McSNIDER: I'm not in a  
14 position to answer that. I think there are  
15 people that I think would have -- that that  
16 could be -- could be a question, yes.

17 MS. SILVEY: Okay. And if you  
18 would let us know that if you do.

19 And the second comment I have is  
20 the only thing I would say about that now  
21 is -- and this person brought this out to  
22 us, that this could be a person who had many  
23 years of underground mining experience and  
24 of course, you know, know -- know all the  
25 aspects of underground coal mining.

1                   But might the mine change as  
2                   mining progresses or advances and might  
3                   that -- might there be changes that might  
4                   require -- might -- that person might need  
5                   to go underground to notice the changes?  
6                   I'm asking you that.

7                   MR. McSNIDER: Well, I'm -- I'm  
8                   telling you sitting here that I can't think  
9                   of a reason --

10                  MS. SILVEY: Okay.

11                  MR. McSNIDER: -- that it would  
12                  absolutely be necessary for him to go  
13                  underground.

14                  MS. SILVEY: Okay.

15                  MR. McSNIDER: If he's been  
16                  underground and he understands underground  
17                  systems and what goes on, I think you could  
18                  train that guy annually and probably from  
19                  the surface to do that. I don't  
20                  necessarily see that he would be -- where  
21                  it would be a benefit for him to go  
22                  actually see what's there.

23                  MS. SILVEY: Of course, I assume  
24                  that in that case where you're telling me  
25                  that the person is physically unable to go

1 underground, that in that particular case,  
2 if you have people who fit in that  
3 category, that person and the responsible  
4 person are not the same person, I would  
5 assume.

6 MR. McSNIDER: Well, they are  
7 the responsible person.

8 MS. SILVEY: Oh, they are the  
9 designated responsible person on the  
10 surface?

11 MR. McSNIDER: Right. Not  
12 underground.

13 MS. SILVEY: Right, not  
14 underground. Okay. All right. Thank you.

15 MR. McSNIDER: I appreciate it.

16 MS. SILVEY: Is there anybody  
17 else who wishes to make a comment or  
18 provide testimony? Anybody else?

19 If nobody else wishes to provide  
20 comment or testimony, then I would like to  
21 say that we, MSHA appreciate very much you  
22 all coming and providing your input on this  
23 important rulemaking.

24 I want to also add that we  
25 appreciate the people who have provided the

1 testimony and as well we appreciate -- we  
2 appreciate the people who came to attend  
3 today and did not provide testimony because  
4 that shows to us that you are interested in  
5 this rulemaking.

6           You heard me say that the  
7 questions that we posed in the opening  
8 statement, some of the questions that were  
9 posed during the time that people provided  
10 comment and testimony, we -- we will  
11 appreciate very much your getting  
12 additional -- your additional information  
13 to us that you have on those issues that  
14 were raised prior to the comment period  
15 closing on September the 8th.

16           And having nobody else who  
17 wishes to comment, at this point then, and  
18 giving appreciation to everybody, we will  
19 conclude today's hearing.

20                           END OF HEARING

21                   (The hearing concluded at  
22                   12:03 p.m.)

23

24

25

1                   C E R T I F I C A T E

2

3       STATE OF ALABAMA )

4       JEFFERSON COUNTY )

5

6                   I hereby certify that the above  
7       and foregoing deposition was taken down  
8       by me in stenotype, and the questions and  
9       answers thereto were reduced to computer  
10      print under my supervision, and that the  
11      foregoing represents a true and correct  
12      transcript of the deposition given by  
13      said witness upon said hearing.

14

15                  I further certify that I am  
16      neither of counsel nor of kin to the  
17      parties to the action, nor am I in  
18      anywise interested in the result of said  
19      cause.

20

21

\_\_\_\_\_

Dana Gordon, Commissioner

22

ACCR #146

23

24

25